

TERA

10-300
~~210~~
~~01-0494~~

JRB:jrb1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

PRESS CONFERENCE
ON
THREE MILE ISLAND

Middletown, Pennsylvania

April 11, 1979

2:30 p.m.

Pages 1 - 23

13 161

7904130366

T

RAW TRANSCRIPT - UNCORRECTED · 4/11/79

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. FOUCHARD: Things have change since about a week ago, and we thought we would come down here and give you the situation here today; this very well may be the last scheduled briefing.

We are going to begin to wind down our activities here in the press center; and to try to keep you informed we will probably try to keep the trailer out there for a while.

But Harold wanted to come down this afternoon and tell you about the current situation, and a little bit about where we go from here.

So, Harold?

DR. DENTON: There have been no dramatic developments one way or the other since I briefed you last. What I will do is go down a list of about eight items that I wanted to just make sure you are aware of.

Let me start by mentioning that the degassing operations are continuing. Reactor pressure has been brought as low as 400 pounds through degassing. We are attempting today to bring the pressure down to 300 psi for degassing of that pressure.

13 162

We have been experiencing some reduction in let-down flow when we lower reactor pressure, so efforts to over-

RECORDED

T1 jrb2

RAW TRANSCRIPT - UNCORRECTED - 4/11/79

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

With regard to ultimate cool-down of the plant, the system being -- the so-called "preferred plan" looks better and better, making the steam generator side solid water, and affording natural circulation inside the vessel.

The plans presently are to modify the B-steam generator loop -- this is the presently-inactive steam -- by installing some pumps and heat exchangers, so that leakage through the steam generator, the B-steam generator loop, will not get out to the environment.

This is sort of an intermediate loop between steam generator and the condenser.

There is a long-term plan to also modify steam generator loops, and install a high pressure system, perhaps a 600-pound pump and heat exchanger, to prevent any leakage from the steam generator side would be a reactor.

But this would be a long-term program of the short-term program.

And this is a system which would bring the reactor down to lower temperatures.

The present status of the core is about 1,000 pounds pressure; although

ROOM ORIGINAL

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 residual heat removal system, is being modified now to reduce
3 the possibility of leaks in the system in case they were
4 called upon; and to make maintenance easier.

5 Another system that's being installed in the RHR
6 system on a priority basis -- which is engineered to minimize
7 leakage and minimize need for maintenance -- and a pit is
8 being dug adjacent to one of the buildings and heat exchangers
9 and pumps will be brought in on a sled to provide an
10 additional backup system to this RHR system.

11 And the plans are to construct over a period of
12 several months a more permanent system of heat exchanger
13 pumps, deionizers, so the contaminated water inside the
14 reactor containment could be brought out through this new
15 structure, and new chemical processing unit; and this unit
16 would be the one ultimately relied upon to cool down water
17 inside the containment, and to remove the fission products
18 that are still in the water at that time.

19 There's a difference in short-term and long-term
20 operations; but all of the systems I just mentioned -- the
21 RHR, the sled, and the new unit, are backup systems; they are
22 emergency backup systems to the preferred shutdown system
23 I described using the steam generator.

24 With regard to release rates of iodine and noble

POOR ORIGINAL

5

RAW TRANSCRIPT - UNCORRECTED - 4/11/79

during the past 24 hours.

Today, for the first time, the armed aircraft was not able to identify xenon-133 in the plume. No doubt there's still some being released, but the monitors inside the building indicate very low levels are going out. The plant thinks it may have found the leaky diaphragm valve and is attempting to repair that. Also operations that disturb the various fluid levels in various tanks are being minimized.

I looked at the TLD readings for April 9th; that was the day on which there was a release from the plant, that the release rate from the plant was going up rather than going down during the night.

For that period on the 9th, all but three of the dosimeter stations showed radiation levels at background; background being 1/100 or 2/100 of a millirem an hour.

Three stations showed above background level. All three of these were in an easterly direction from the plant. They -- all three -- showed .03 millirem per hour, or approximately twice background on a per hourly basis.

Iodine releases from the plant are continuing as of yesterday at about their prior rates, about a tenth of a curie.

13 105

Today the filters are being changed in the

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 the structure going up on the roof of the auxiliary building,
3 which is a backup filter system that will filter further
4 releases from all the vent air, all the ventilation systems
5 in the plant.

6 So once the auxiliary system filters are changed
7 today, then I expect the iodine releases to decrease
8 marginally.

9 The total exposure to the individuals offsite
10 in our estimate continues to be less than 100 mr for the
11 maximum exposure. Coming up to about yesterday on man/rem
12 we calculated about 2,500 man/rem total exposure during the
13 course of the accident.

14
15
16
17
18
19
20
21
22
23
24
EndTl
WL Fls

POOR ORIGINAL

7

wel 1

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 There was a shipment of waste from the plant to a
3 low-level burial ground in South Carolina that was rejected by
4 the State of South Carolina, apparently because it contained
5 products that were generated in Unit 2. So the truck was
6 turned around, and the shipment has been brought back and is
7 now on the island.

8 Finally, we were informed today that in
9 checking the valve alignment status in Unit 1 on March 27 they
10 discovered that a valve in a system that supplied steam to one
11 of the auxiliary feed water pumps was in a closed position,
12 in violation of our test spec requirements on Unit 1. The
13 valve of course was reopened, but prior to that time they were
14 at temperatures for which the system was not designed.

15 That covers the items I wanted to cover, and I'll
16 take questions now.

17 QUESTION: Mr. Denton, the NRC today advised
18 operators of all light-water reactors that certain corrections
19 had to be made on a priority basis, in part based on what's
20 been learned here.

21 I wonder, specifically what was that anomaly here
22 that's been extrapolated to Westinghouse reactors that is
23 behind that directive?

24 DR. DENTON: Westinghouse informed all of its

13 107

POOR ORIGINAL

8

wel 2

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 coincidence required for initiatic of safety systems opera-
3 tions in their plants, coincident signals requiring both
4 pressurizer pressure and low levels that they are recommending
5 to all their plant operators to initiate the emergency core
6 cooling system on pressurizer pressure alone, because of
7 the concern that the level indicator may be susceptible to
8 some of the same problems that occurred here.

9 Also we've found that the auxiliary feed pumps at
10 some Combustion plants did not start automatically on this
11 type of transient, so a meeting is going on in Washington
12 today with Westinghouse and CE, and I would expect a bulletin
13 to go out from Washington covering for their plants the same
14 type of comments that were discovered with B&W.

15 QUESTION: Could you briefly relate that scenario
16 as was developed here?

17 DR. DENTON: One of the problems that was developed
18 here was with the performance of the pressurizer level instru-
19 mentation during this transient, and Westinghouse, through a
20 telegram, indicated that their reactors may be susceptible to
21 the same erratic pressurizer level performance. 13-108

22 There were a number of things that went wrong in
23 this accident, and I ticked off before about six items. One
24 was sort of design related, the pressurizer level instrumenta-
25 tion. And in that sense Westinghouse is advising their

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 operators not to depend upon pressurizer level instrumentation
3 but to initiate action on pressurizer pressure alone.

4 QUESTION: How is the Westinghouse setup different
5 from the pressurizer gauges in B&W plants?

6 DR. DENTON: I'll not go into detail on the
7 differences. This is the subject of the meeting in Washington
8 today.

9 QUESTION: I mean is there a problem with B&W
10 plants that -- in other words, if this directive has gone out
11 to Westinghouse plants, how many reactors have to be modified,
12 and how dangerous a defect is this?

13 DR. DENTON: Well, I'm not as informed about
14 the Westinghouse and CE problems, except through phone calls
15 back to Washington. They're meeting today with Westinghouse
16 and CE, so all I can really report is that I know that
17 there've been telegrams to Westinghouse plants from Westing-
18 house that in the event of low pressurizer indications of a
19 pressure which would initiate the emergency core cooling
20 system if you had coincident low pressurizer levels, the
21 operator is to initiate manually and not to rely on the signal.

22 That's only one of the six factors that go into
23 the accident here, but it's an important piece. 13 109

24 QUESTION: You said apparently the trucks that were

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 materials. Were they carrying fissionable materials from
3 Unit 2 or Unit 1?

4 DR. DENTON: They were carrying materials from
5 Unit 1. They're called evaporator bottoms, it's sludge from
6 the bottoms of the evaporators, after they evaporate the
7 water off. The composition of the material carried to South
8 Carolina meets all the federal standards for shipping of the
9 materials and is, in fact, a typical sort of material that's
10 been shipped out all along.

11 We have concluded that they probably had some
12 water from Unit 2 go over into Unit 1, that evaporated and
13 got into this, and the radioisotopes that are in that are the
14 same that have gone out from Unit 1 previously.

jrbl

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 QUESTION: Has any preliminary sample of the
3 primary coolant been performed?

4 DR. DENTON: I haven't heard back any results
5 from the analysis.

6 The direct radiation levels -- they were taken on
7 the sample before it was shipped -- were like 17r an hour,
8 whereas the first sample that was shipped off measured the
9 same way, ran 1,000r an hour.

10 So it indicates that -- the fact that we've added
11 new water to the system that dilutes the radioactivity;
12 and the noble gasses in the water have been decaying off with
13 their halflife of five days or so for certain xenon; one of
14 the radiiodine isotopes has a 20-hour halflife, and it's
15 down quite a bit. The other isotope of iodine has an eight-
16 day halflife. So there's been a large change in the direct
17 radiation level of the sample, apparently, in the water.

18 QUESTION: What can you infer about core damage
19 from that?

20 DR. DENTON: Well, we can't infer much about the
21 radiation level itself. But what we are hoping to find when
22 we get the sample back, is what -- does it have traces of
23 uranium in it? Are they volatile fission products only, or
24 are they the less volatile fission products? 1.3 - 1.71

25
26

So from analysis of the elements in the water, you

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 can infer the extent of damage in the core.

3 And we have one -- the other use we make of the
4 data is in designing the backup systems that I described;
5 you need a bases for the radioactivity in the water, so you
6 can design instruments and seals to withstand that level of
7 radiation.

8 QUESTION: Are you confirming Unit 2 and Unit 1
9 water were mixed?

10 DR. DENTON: It is my understanding from a meeting
11 this morning that it was likely that some small amounts of
12 Unit 2 water did get into the Unit 1 systems at the time, but
13 not a lot.

14 And in fact, since the isotopes are about the
15 same, you can't physically tell whether they did or not.

16 QUESTION: The Company has said there is evidence
17 of either a valve malfunction or a seam leakage that
18 occurred on Sunday or Monday; do you know anything about that?

19 DR. DENTON: I don't have the details.

20 QUESTION: Yes, sir.

21 QUESTION: What is your earliest estimate now as
22 to when you can go to solid secondary side steam generator;
23 and once you do that, what's your estimate as to how many
24 days it would be to achieve cold shutdown? 13-172

25 DR. DENTON: Once the degassing or pressure is

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 lowered, we think we can get down to -- is completed -- we
3 intend to take a primary coolant sample, pressurized; in
4 other words, a sample that would still have the dissolved
5 gasses in it, and see how effective the degassing period has
6 been.

7 If it shows that the levels of dissolved gasses
8 are as low as we hope they are, then we can move rather
9 promptly to the next phase of the cool-down.

10 If it shows that there's still a lot of dissolved
11 gasses and the partial pressure of the gasses is still high,
12 we would probably continue to degas further.

13 I guess my own estimate is, I would hope that we
14 could bring the bulk core temperatures down within
15 approximately a week from now, bring the bulk core temperatures
16 down to a level of approximately boiling.

17 QUESTION: With the radiation levels at 3 millirems
18 per hour that you quoted before, and background level radiation
19 near 100 millirems, average, before anything like this
20 happened, that goes out to over 300 times the usual -- somewhere
21 around 300 times the usual radiation.

22 I was wondering why in the world would you bring
23 the pregnant women and preschoolers back into a situation
24 like this?

13 173

25 DR. DENTON: Well, you have to distinguish between

RAW TRANSCRIPT - UNCORRECTED - 4/11/79

the instantaneous peak radiation level under a plume, as it is passing by, and the integrated exposure at any one plot on the ground over a 24-hour period.

QUESTION: Is this a plume, then? Or was it an offsite monitor?

DR. DENTON: Well, on the day of April 9th, there was a reported reading as the plume swept over the "trailer city" or 3 to 4 m μ an hour for an open window monitor.

I believe the closed monitor reading at the same time was about a quarter of an m μ an hour.

But that's when you are under the plume that moves by.

So what -- the way you have to look at it is to look at all the dosimeters which are in permanent stations around the site, and these are taken and counted every 24 hours.

And that's the group of dosimeters I reported on, that all but three out of the group of 47 showed no levels above background; and the three that did show levels above background were only .03 m μ an hour.

So the total maximum exposure above background that anyone would have gotten from being at one of the stations on April 9, was .3 of a millirem. 13-154

QUESTION: Oh, it's .03?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAW TRANSCRIPT - UNCORRECTED - 4/11/79

DR. DENTON: Well, that's the difference between the instantaneous peak that we quoted, and that you just mentioned, as the plume moves over, and if the plume stayed in one spot, it would come out like you say.

But the plume meanders around, so what you really have to look at is the dosimeters every 24 hours.

EndT3
WL Fls

13 175

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 QUESTION: Before this accident was reported, the
3 chances of the accident were very slight.

4 Based on all the information you have now, what
5 are the chances of another accident like this occurring in
6 other power plants around the United States?

7 DR. DENTON: I think the chances of another
8 accident like this are very remote. We fix the plants for the
9 kinds of problems that have occurred.

10 If you look back, you'll find that the plants have
11 gone for about 425 reactor years without ever experiencing
12 fuel damage. This is the first accident in which fuel damage
13 has occurred.

14 There have been other occasions in plants where
15 we've made changes after learning -- for example, after the
16 fire in Browns Ferry we made necessary corrections to prevent
17 fires so that this type of accident is very unlikely to happen
18 again.

19 What we'll have to do is see what lessons you can
20 learn from this and apply them to future plants, and that's
21 something that's going to take me awhile after we get back from
22 here and sit down and find out what sort of changes we want
23 to make in the future.

19 176

24 QUESTION: What will happen now to that shipment
25 that was turned back and is now at Three Mile Island?

1 RAW TRANSCRIPT - UNCORRECTED .. 4/11/79

2 DR. DENTON: It's sitting now on the island, and
3 I think the individuals and groups involved are trying to
4 work out arrangements with South Carolina.

5 There is one other burial ground that's available
6 in Nevada that --

7 QUESTION: How are those negotiations going?

8 DR. DENTON: They're going on right now.

9 QUESTION: Mr. Denton, you said essentially that
10 that waste was from TMI-1. Does that mean that there are
11 continually -- that wastes are produced even though it's shut
12 down, or why are they moving it now?

13 DR. DENTON: Well, waste from Unit 1, there's been
14 this kind of low-level waste ever since Unit 1 has been
15 operating, and it will probably go to Barnwell. It's low-level
16 waste, not high-level waste of the type that goes to federal
17 depositories to be --

18 QUESTION: But Unit 1 has been down since February,
19 right? Or March?

20 DR. DENTON: Even so, certain amounts of radio-
21 activity is in the water and the processing or treatment
22 system is running all the time to take it out.

23 QUESTION: These auxiliary feed pumps, the subject
24 of the discussion in Washington, could you just clarify how
25 that relates to what happened here? 10-177

RAW TRANSCRIPT - UNCORRECTED - 4/11/79

1
2 DR. DENTON: Well, number one, one of the causes of
3 the accident was the fact that the auxiliary feed pumps were
4 valved out of service so they couldn't operate when called
5 upon.

6 What I mentioned with regard to Combustion Engineer-
7 ing plants was that the design on some of their plants is
8 such that these pumps won't start automatically and have to
9 be manually initiated, and --

10 QUESTION: So in other words there's two problems:
11 One is the emergency core cooling system doesn't start up, and
12 the other is these feed pumps, or feedwater pumps, don't --

13 DR. DENTON: But they're in different types of
14 plants. Whereas in the Combustion plants they don't require
15 coincident pressurizer pressure and levels, and they did find
16 CE plants that don't start feed pumps automatically.

17 QUESTION: The waste that was shipped to South
18 Carolina, was that above normal levels that --

19 DR. DENTON: No, it met all federal standards. I
20 understand it was turned because the Governor of South Carolina
21 has decided that waste from here shouldn't be accepted in
22 his State.

23 QUESTION: To what extent would this cause a
24 problem when the time comes for trucking out the waste from
25 unit number 2?

wel 4

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

RAW TRANSCRIPT - UNCORRECTED - 4/11/79

DR. DENTON: Well, if it is not accepted in South Carolina it would require that the waste be shipped a much longer distance than to Barnwell, South Carolina.

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 QUESTION: How would that aggravate your schedule?

3 DR. DENTON: I don't think that this has been
4 looked into enough to determine the effect on schedule.

5 QUESTION: You said that the B&W plant for
6 cooling reactors down is the best alternative? Is that the
7 decision that has been made?

8 DR. DENTON: No, that's -- I hope to make that
9 decision Friday, when the Staff has completed its evaluation.

10 QUESTION: If you make that decision, does this
11 still hold true that you would bring the thing down to boiling
12 temperature or thereabouts in a week?

13 DR. DENTON: Yuh, assuming that our sample of
14 the primary coolant indicates that the degassing operation
15 really has been effective; that is, if we find a sample that
16 indicates we need to degass the coolant for a longer period
17 of time, we would continue that operation.

18 QUESTION: You are talking subsequent samples, not
19 the one that was taken?

20 DR. DENTON: No, the one that was taken was an
21 easier sample to take, and it was not a pressurized sample;
22 so the gasses that were dissolved in it were released before
23 the sample was taken.

24 QUESTION: So you are talking about a subsequent
25 sample?

75 j=52

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 DR. DENTON: Yes.

3 I might mention that in taking that sample, the
4 personnel exposures were quite low, on the order of 20 to
5 30 millirem per hour, as a result of a lot of preplanning,
6 and as a result of a lower coolant level; so we didn't have
7 to use "Herman" to take that sample.

8 QUESTION: How will the subsequent taking of
9 samples differ? You say it is complicated? When do you
10 expect that to happen?

11 DR. DENTON: It would be after we've completed
12 degassing at the 300 psi level.

13 QUESTION: This shipment that was rejected in
14 South Carolina, is that the same one that was turned back
15 at the borders of Virginia? -- that truckload of nuclear
16 chemicals?

17 DR. DENTON: I don't know for sure. I haven't
18 heard about the other incident.

19 QUESTION: Would you go over again, I guess it
20 was the Licensee Event Report to your office yesterday or
21 today -- I didn't understand? 13 101

22 DR. DENTON: It was a report to us today from
23 GPU, a Licensee Event Report, that says that they found on
24 March 27 that a valve to a steam line that is essential to
25 the operation of one of the auxiliary feed pumps in Unit 1

1 RAW TRANSCRIPT - UNCORRECTED - 4/11/79

2 was in the closed position at a time in their startup process
3 at Unit 1 when the license requires it to be open.

4 QUESTION: Does that mean Unit 1 was being
5 started up?

6 DR. DENTON: Well, Unit 1 was in a hot standby
7 condition, where they have to have -- where the coolant
8 temperatures were hot; it doesn't mean that they were actually
9 pulling the control rod at the time. It means that plant
10 conditions were hot.

11 QUESTION: This is one of three auxiliary feedwater
12 pumps?

13 DR. DENTON: It's either three or two; I'm not
14 sure. They did have other auxiliary feed pumps that are
15 driven electrically, as opposed to steam turbine.

16 QUESTION: How did Unit 2 waste get into Unit 1?

17 DR. DENTON: I don't know for sure how the
18 connection -- how Unit 2 water got into Unit 1; but it's no
19 doubt that in connection with the accident in Unit 2, some of
20 the water in Unit 2 got into systems or sumps in the Unit 1
21 building; and therefore were mixed with some of the Unit 1
22 water; and this is evaporated and ended up in sludge.

23 QUESTION: The other sample you are going to take,
24 that will be the determining sample; is that going to be taken
25 from the narrow plumbing or from a different area? Is that

